

UNITED STATES OF AMERICA  
ENVIRONMENTAL PROTECTION AGENCY  
BOSTON REGION

In the Matter of:

PUBLIC HEARING:

RE: NOTICES OF INTENT SUBMITTED BY OPERATORS SEEKING  
AUTHORIZATION TO DISCHARGE STORMWATER UNDER THE U.S. EPA  
NATIONAL POLLUTANT DISCHARGE ELIMINATION SYSTEM (NPDES)  
SMALL MUNICIPAL SEPARATE STORM SEWER SYSTEM (MS4) GENERAL  
PERMIT

OPERATORS:  
Massachusetts Highway Department  
Massachusetts Turnpike Authority

Worcester Public Library  
3 Salem Square  
Worcester, Massachusetts

Friday  
February 17, 2006

The above entitled matter came on for hearing,  
pursuant to Notice at 9:15 a.m.

BEFORE:

DAVID WEBSTER, Chief  
DAVID J. GRAY, PE  
Office of Ecosystems Protection  
U.S. Environmental Protection Agency  
New England Region 1  
One Congress Street, Suite 1100  
Boston, MA 02114

I N D E X

<u>SPEAKERS</u>	<u>PAGE</u>
David Webster	3
<u>PUBLIC</u>	
Henry Barbaro	7
Rick McCullough	8
Peter A. Angelini	9
Andrea Donlon	12
Eloise Lawrence	18
Kate Bowditch	24
Jamison Colburn	33
Roger Frymire	38

P R O C E E D I N G S

(9:24 a.m.)

MR. WEBSTER: Good morning, ladies and gentlemen.

This morning's hearing concerns the Notices of Intent, which summarize Stormwater Management Plan submitted by the Massachusetts Highway Department and the Massachusetts Turnpike Authority, for coverage under the National Pollutant Discharge Elimination System, or NPDES, general permit for stormwater discharges from small municipal separate storm sewer systems, sometimes called Small MS4s.

This hearing shall come to order. My name is David Webster. I'm the Chief of the Industrial Permits Branch with the New England Region of the United States Environmental Protection Agency, or EPA. The other member on today's public hearing panel is David Gray, with the Stormwater Water Program for EPA New England.

I will, briefly, describe the background for this hearing, as well as explain how the hearing will be conducted.

EPA has authority under Section 402 of the Clean Water Act to issue permits to regulate, among other things, certain stormwater and wastewater discharges from point sources in the waters of the United States.

On May 1, 2003, EPA New England issued a general permit for stormwater discharges from small municipal

1 separate storm sewer systems, or MS4s, in Massachusetts. In  
2 order to obtain authorization to discharge under this  
3 general permit, operators of Small MS4s were required to  
4 submit a Notice of Intent by July 30, 2003.

5           The Notice of Intent summarizes how the operator,  
6 or in these cases, the Massachusetts Highway Department and  
7 the Massachusetts Turnpike Authority, will implement the  
8 Stormwater Management Program required by the general  
9 permit. The Stormwater Management Program provides  
10 additional detail on how these organizations will manage  
11 their stormwater and comply with the permit's conditions.

12           On November 2, 2005, EPA made available for public  
13 comment several Notices of Intent received by the agency,  
14 including those submitted by the Massachusetts Highway  
15 Department and Massachusetts Turnpike Authority.

16           The agency received comments and requests for  
17 public hearings from several persons. Based on the  
18 significance of the public interest, this hearing is being  
19 conducted by EPA in order to receive additional public  
20 comment on these Notices of Intent submitted by the  
21 Massachusetts Highway Department and the Massachusetts  
22 Turnpike Authority.

23           Copies of the Notices of Intent are available here  
24 today at the table near the door, at the back of the room.  
25 We've also provided copies of several fact sheets that

1 explain the municipal stormwater permitting program.

2 Those, too, available at the table.

3           The Stormwater Management Program documents  
4 prepared by the Massachusetts Highway Department and the  
5 Massachusetts Turnpike Authority are available at the  
6 Region 1 Web page, and I'll give you the Web page name, but  
7 I'm sure it's in the fact sheets as well back there,  
8 [www.epa.gov/ne/npdes/stormwater/index.html](http://www.epa.gov/ne/npdes/stormwater/index.html).

9           We are accepting oral statements, but to ensure  
10 accuracy, all lengthy comments should be submitted in  
11 writing. Oral statements should also summarize extensive  
12 written material to allow time for all interested parties to  
13 be heard. Both, oral and written comments received today,  
14 as well as those written comments submitted during the  
15 public comment period, will be fully considered by EPA.

16           The agency intends to seek input from the  
17 Massachusetts Highway Department and the Massachusetts  
18 Turnpike Authority on the comments so that EPA is fully  
19 informed about any issues raised by the comments.

20           After evaluating information from the commenters  
21 and the Massachusetts Highway Department and the  
22 Massachusetts Turnpike Authority, EPA will determine whether  
23 any changes are necessary in those operators' Stormwater  
24 Management Programs. We will make available information  
25 that results from our evaluation on the EPA Region 1

1 stormwater Web site.

2           This is an informational non-adversarial hearing  
3 without cross-examination or other inquiry of either the  
4 commenters or the panel. We, as the panel, will confine our  
5 questions to point of clarification for the record.

6           This public hearing is being recorded. All the  
7 comments received, recordings and supplemental materials are  
8 open to the public and may be inspected during normal  
9 business hours at EPA's Boston office.

10           The public comment period closes tonight,  
11 midnight, February 17, 2006, unless extended by the hearing  
12 officer prior to the closing of the hearing today.

13           Let me say a little bit about the order of the  
14 comments that I intend to use. First, I will allow, both,  
15 the Massachusetts Highway Department and the Massachusetts  
16 Turnpike Authority to make a short concise presentation, if  
17 they wish, and then any, first, any federal, state or local  
18 elected officials, then any other agencies, public agencies,  
19 then general members of the public audience.

20           I'll use the attendance cards to call on people  
21 who wish to comment. If I call on you, let's make sure I  
22 get your name right for the record, and the speakers should  
23 come to the podium to speak. I ask that, when you speak,  
24 you identify yourselves and your affiliation.

25           I'm going to start by asking of representatives

1 from either Mass. Highway or Mass. Turnpike Authority wish  
2 to speak at this time. I'll also give you an option at the  
3 end of the program as well.

4 Go ahead.

5 MR. BARBARO: Good morning. My name is Henry  
6 Barbaro. I supervise the Wetlands Unit of the Mass. Highway  
7 Department, and I guess I really didn't prepare for  
8 speaking. I thought I was going to be just strictly  
9 listening, but one thing I want to point out about the  
10 comments in -- the written comments that I've seen is that  
11 it seems like a whole lot of them are based on  
12 interpretation of the NPDES Phase 2 requirements, so Mass.  
13 Highway looks to EPA to, you know, deliberate and clarify  
14 those points, and I think some of the comments are just  
15 strictly, you know, a difference in interpretation.

16 I guess I could add one other thing. Once EPA, or  
17 during this process, you know, Mass. Highway would be  
18 willing to meet with interested parties and try to resolve  
19 some of these issue. Again, it seems like there's just some  
20 questions of interpretation and understanding of the  
21 requirements, so that's all I have to say for now.

22 Thank you.

23 MR. WEBSTER: Thank you, Mr. Barbaro.

24 Is there a representative from Mass. Turnpike that  
25 wants to say something at the outset?

1 MR. McCULLOUGH: Thank you, Henry.

2 My name is Rick McCullough, from the Massachusetts  
3 Turnpike Authority. I direct the Environmental Engineering  
4 Department that prepares and implements the Notice of  
5 Intent.

6 I just wanted to say really, in brief, that the  
7 Mass. Turnpike Authority supports, fully supports, the Clean  
8 Water Act regulations, as well as -- and has submitted our  
9 Notice of Intent, obviously, in respect to that. We have  
10 also submitted supporting material annual reports as  
11 required by the regulations.

12 The implementation of the work, we felt, is an  
13 ongoing process. I think that's one thing that commenters  
14 could consider, is while the Notice of Intent application  
15 has data in it, you know, where three years into this  
16 process, and we've gone a long way since then in this  
17 flexible type permitting process that's ongoing continually  
18 improving.

19 Again, we're here just pretty much like Henry, to  
20 listen to the comments, get an idea what's, you know, what  
21 everybody has besides written comments that we've received  
22 to date.

23 Thank you.

24 MR. WEBSTER: Thank you very much, Mr. McCullough.

25 I'm going now by the cards. If you just signed in

1 to register and don't want to speak, you're certainly  
2 willing to say that as well.

3 Linda DiMizeo?

4 (Pause.)

5 MR. WEBSTER: Okay. David Harris, Worcester DPW?

6 (Pause.)

7 MR. WEBSTER: Okay. Peter Angelini, from the  
8 Leominster Land Trust.

9 MR. ANGELINI: Good morning. Thank you for the  
10 opportunity to comment.

11 Again, my name is Peter Angelini, Executive  
12 Director of the Leominster Land Trust, and over the past  
13 couple of decades, beginning as a member of the Leominster  
14 Conservation Commission, we tried to, at least, develop a  
15 relationship, a working one, with Mass. Highway to identify  
16 some serious problems, one of which affects and outstanding  
17 resource water known as the Notown Reservoir, primary  
18 drinking water supply for our community, provides nearly  
19 70 percent of the drinking water for the community.

20 We also, the Land Trust owns a 35 acre pond called  
21 Pierce Pond, in Leominster, that is fed by Monoosnoc Brook  
22 which begins at the headwaters of Notown Reservoir, and over  
23 the years, we've seen degradation of, both, Monoosnoc Brook  
24 and Pierce Pond as a result of just increased sand and  
25 sodium treatments.

1           The brook trout population has disappeared. We've  
2 a delta that formed at the confluence of Monoosnoc Brook and  
3 Pierce Pond. The sand deposition is over 6 feet deep. You  
4 can't even get a kayak from the mouth of the brook into the  
5 pond any longer.

6           So I would hope that, as a good faith effort,  
7 along with these current recommendations, that a plan be put  
8 together with a compliance officer, someone who's  
9 responsible for compliance and someone who will, also, act  
10 to adopt a plan which will help remediate some of the damage  
11 that's been caused over the past couple of decades.

12           To me, you know, the new stormwater policy is a  
13 great start, but we have agencies that don't recognize the  
14 Clean Water Act, and I think we're fooling ourselves if we  
15 think they're going to comply with these new stormwater  
16 regulations.

17           So I'd just ask you to, please, consider some type  
18 of a compliance official that public non-profits and other  
19 interested parties can contact, and we don't have to go  
20 through this bureaucratic process, the BEP contacts local  
21 Conservation Commissions and moving up the food chain to EPA  
22 over issues that should be resolved immediately. They  
23 shouldn't take years and decades to resolve.

24           There should be someone that could be contacted  
25 that can come out to the site, identify the problem and put

1 together a plan for remediation, and I think if you can  
2 employ that component in the stormwater, these new  
3 stormwater management rules, that I think we're going to  
4 have a much better chance of success and to try to clean up  
5 some of this damage.

6           Again, we had a beautiful brook where a cobble  
7 bottom supported a brook trout population. Now, the entire  
8 bottom of the brook is comprised of sand, and you know,  
9 during the winter and spring months, I would say that it's,  
10 basically, brackish water, there's so much salt being  
11 deposited along the highway system at 17 outfalls.

12           And we met with Mass. Highway about 18 months ago,  
13 a wonderful young lady, very cordial. She came out, walked  
14 the one mile stretch of Monoosnoc Brook with us. We  
15 identified the 17 outfalls. We even offered -- we had a  
16 corporate sponsor, we thought we had an innovative  
17 remediation project. We were going to build some head walls  
18 on a steep bank, and we could actually get in there  
19 physically with our volunteers and do the maintenance,  
20 remove the sand before it entered Monoosnoc Brook, and we  
21 were willing to pay for half the cost of it.

22           We thought it was an innovative pilot program that  
23 could be adopted throughout the state, and after what we  
24 thought was a very productive meeting, the communication  
25 ended. We never heard from Mass. Highway again, and we

1 contacted that official and, apparently, you know,  
2 priorities changed.

3           So, you know, I've been doing this quite a while,  
4 maybe to the point of becoming frustrated, and I hope that  
5 that's what you're sensing from my words this morning  
6 because I am frustrated, and I think it is time for us to  
7 take a logical approach, something with teeth, and we need  
8 enforcement as well, and if we are serious about this,  
9 stopping the degradation of our water supplies, then that's  
10 what we'll do.

11           Thank you very much.

12           MR. WEBSTER: Thank you very much.

13           Andrea Donlon, from Connecticut River Watershed  
14 Council.

15           MS. DONLON: Hi. Thank you.

16           My name is Andrea Donlon, and I'm with the  
17 Connecticut River Watershed Council. We submitted a comment  
18 letter back during the original comment period, and I have  
19 some additional comments today, and I, mainly, had the  
20 opportunity to review the Mass. Highway NOI, but some of my  
21 comments pertain to the, the Turnpike and Mass. Highway.

22           As we all know, the NPDES Phase 2 regulations are  
23 new, and we're pretty much in uncharted territory, so we  
24 really appreciate being able to be a part of the public  
25 process in reviewing these NOIs.

1           We're also sympathetic to the municipalities  
2 having to comply with this new regulation, and in many  
3 cases, people feel that it's, you know, an unfunded mandate  
4 that they weren't expecting to spend money towards, and some  
5 of the expectations of what the NOI means and says may not  
6 have been entirely clear, and I think, you know, and I've  
7 looked at a bunch of different NOIs. Many of them list, in  
8 their BMPs, existing programs rather than new things, and  
9 some of them have had goals that were somewhat vague.

10           We're also aware that the MS4 NOI doesn't require  
11 numerical limitations which allows flexibility, and that's a  
12 good part of the regulation. However, the MS4s are required  
13 to reduce the discharge of pollutants, what's called to the  
14 maximum extent practicable, and EPA in memoranda have  
15 regarded this as sort of an iterative process.

16           So, I think the question to be answered is whether  
17 or not Mass. Highway complies with the regulatory  
18 requirements of the NOI and the spirit of the regulation in  
19 this first five years of the new permits, and we argue that  
20 the NOI is insufficient in certain areas, especially, given  
21 Mass. Highway's breadth and significant potential to effect  
22 water quality statewide.

23           In the Connecticut River watershed, the urbanized  
24 area around Springfield, I-91 and Route 5 runs, roughly,  
25 parallel to the Connecticut River, and the Mass. Turnpike

1 runs pretty much parallel to the Chicopee River and then the  
2 Westfield River, which are tributaries to the Connecticut  
3 River.

4           Looking at the big picture, EPA has identified  
5 non-point source pollution as the largest source of water  
6 pollution in the country. Roads and highways are one source  
7 of runoff pollution, and Mass. Highway maintains thousands  
8 of miles of road.

9           The major contaminants of interest in highway  
10 runoff are de-icers, nutrients, metals, petroleum related  
11 organic compounds, sediment washed off from the road surface  
12 and agricultural chemicals used in highway maintenance.  
13 Impervious surfaces, also, contribute to an increase in  
14 temperature in water reaching rivers and streams, and  
15 temperature pollution can have an effect on biological  
16 receptors.

17           Whether or not water bodies in Massachusetts have  
18 been impacted by Mass. Highway or the Turnpike Authority is  
19 not fully researched, although the U.S. Geological Survey,  
20 Mass. Highway and the Federal Highway Administration have  
21 been studying this topic, and one literature review has  
22 identified that there are some constituents of highway  
23 runoff in receiving waters near highways found in the  
24 tissues of aquatic biota, although those are not necessarily  
25 toxic to the biota.

1           So, will the BMPs listed in Mass. Highway's NOI  
2 and described in the Stormwater Management Plan or the SWMP  
3 actually serve to improve and protect water bodies in the  
4 Commonwealth? It's our opinion that Mass. Highway's NOI is  
5 written in a way that it will be difficult to determine  
6 that, and the measures will not necessarily result in  
7 protection or improvement of water quality.

8           For example, in the source control related BMPs,  
9 in Minimum Control Measure 6 under good housekeeping, many  
10 of the measurable goals are to continue to support such and  
11 such a program, and in Mass. Highway's second annual report  
12 to EPA on the progress of its NOI, they reported that, you  
13 know, Mass. Highway continues to support this program. What  
14 does support mean, and does supporting a program actually  
15 result in water quality protection and improvement in a way  
16 that you could actually measure it?

17           The SWMP identifies ways that Mass. Highway is  
18 addressing salt and sand control, for example. Mass.  
19 Highway states that they have reduced the amount of sand  
20 applied to state roadways by more than 50 percent over the  
21 last two years. I was curious if this reduction reflected a  
22 permanent systemwide paradigm shift in sand usage.

23           So, I contacted Mass. Highway and got data from  
24 2000 to 2005 e-mailed to me for statewide salt and sand  
25 usage and District 2, which is the Connecticut River Valley.

1           I have some graphs that analyze this data, and  
2 from looking at the graphs, I'm not sure which two years  
3 Mass. Highway was referring to, and of course, the salt and  
4 the sand application is based on weather conditions, which  
5 vary year to year, but if you compare the information, the  
6 winters of 2002 to 2003, the salt use was about the same as  
7 2004 to 2005, but the sand was actually 2,300 tons higher in  
8 the later year, 2004/2005, and in District 2, there was one  
9 of those similarities, but the sand use went down in the  
10 later year.

11           So, there are some signs of declining sand use,  
12 but a clear trend is not apparent. One measure of the sand  
13 use as compared to salt use is a ratio of tons of salt to  
14 tons of sand use, and I have a graph here showing those  
15 ratios, and you would expect, if sand use comparatively  
16 declined, you would see the ratio between salt and sand get  
17 higher and higher, and in District 2, this was the case  
18 between 2001 and 2004, but the last winter, 2004/2005, was a  
19 return to heavier sand use, and statewide, there are no  
20 clear trends in the ratio.

21           So, I would say, based on the data I received,  
22 it's not conclusive that sand use is consistently being  
23 reduced, and we recommend that Mass. Highway look at root  
24 causes of that. Training may be a good tool, but if there's  
25 a built-in preference for highway contractors to spread

1 potentially unnecessary quantities of salt and sand, and I  
2 don't know if that's the case or not, but it would be useful  
3 to look at that. I know I've seen, you know, salt just, dry  
4 salt sitting there for weeks, which may or may not have been  
5 too much salt and sand as well, but it's unlikely that water  
6 quality improvements will actually be realized.

7           We're glad that Mass. Highway has identified the  
8 use of herbicides in their source control housekeeping  
9 measure. They've developed a Vegetation Management Plan  
10 that uses integrated pest management in an effort to use  
11 herbicides and pesticides as little as possible.  
12 Unfortunately, though, the only goal associated with source  
13 control of pesticides in the NOI is the development of this  
14 plan, so we recommend that a goal related to the actual  
15 usage of pesticides be added or considered, at least.

16           So, in conclusion, we think that it's be more  
17 effective if, both, Mass. Highway and the Turnpike Authority  
18 took a step back and identified the potential pollutants  
19 from highway runoff and then identified the BMPs and  
20 measurable goals designed to really reduce the discharge of  
21 these pollutants, but this NOI is a very important first  
22 step in thinking about stormwater.

23           Also, I'd like to offer that, if Mass. Highway  
24 would like to pilot a road and watershed in which to  
25 implement mapping, assess affected waters and identify

1 endangered species, since that hasn't fully happened yet.  
2 We suggest using the I-91 and Route 5 corridor that runs  
3 parallel to the Connecticut River. Connecticut River is a  
4 water quality impaired water body already. It will be  
5 needing TMDLs.

6           And the short-nosed sturgeon is a fish that lives  
7 in the Connecticut River in this section of the river, in  
8 the urbanized area. It's also home to the Atlantic salmon,  
9 and thousands or millions of federal dollars have gone into  
10 restoring this fishery, and bald eagles catch fish from this  
11 area as well, so this would be an ideal area to prioritize  
12 and focus on.

13           Thank you.

14           MR. WEBSTER: Thank you very much.

15           Eloise Lawrence, from the Conservation Law  
16 Foundation.

17           MS. LAWRENCE: Hi. My name is Eloise Lawrence.  
18 I'm staff attorney at the Conservation Law Foundation. CLF  
19 appreciates EPA's decision to hold this public hearing about  
20 this important subject of Mass. Highway and the Mass.  
21 Turnpike Authority, of their Notices of Intent to discharge  
22 stormwater under the general permit.

23           Generally, as you know, we submitted comments,  
24 written comments, on December 1, 2005, so we'd just like to  
25 highlight a few certain items and, hopefully, be as brief as

1 possible.

2           Generally, we feel that the Notices of Intent and  
3 the Stormwater Management Plans do not comply with the  
4 general permit, and we do not believe that they will be in  
5 compliance with water quality standards by the end of the  
6 permit term, as CLF believes that they are required to do.

7           Furthermore, the discharges, any discharges that  
8 would cause or contribute to in-stream exceedences of water  
9 quality standards, are simply not eligible for coverage  
10 under the general permit. More specifically with respect to  
11 the NOIs, the Mass. Highway and the Mass. Turnpike's NOIs  
12 fail to identify adequate best management practices and  
13 measurable goals for many of the minimum control measures.

14           In particular, I'd like to focus on the minimum  
15 control measure of pollution prevention and good  
16 housekeeping. Based on what the Mass. Turnpike Authority  
17 filed, it appears that they have no stormwater pollution  
18 prevention plan to speak of. This glaring omission means  
19 that the Mass. Turnpike Authority has no specific policy in  
20 place to reduce sand and salt applications.

21           EPA, as you know, has clearly identified the harms  
22 of too much salt and sand. Salt can contaminate drinking  
23 water and surface water causing harm to, both, humans and to  
24 aquatic life. Salt damages soil and vegetation along  
25 roadways and causes erosion. Sand clouds water and hurts

1 aquatic life, and sand also can become very fine dust and  
2 act as a pollutant to humans and exacerbate problems such as  
3 asthma.

4 EPA, as a result, as recommended four concrete  
5 actions to mitigate these harmful effects: the use of right  
6 material, the use of the right amount, apply at the right  
7 place and apply at the right time.

8 The Mass. Turnpike Authority has identified no  
9 best management practices or measurable goals to implement  
10 these actions. They simply reference "Stormwater Management  
11 Prevention Plan." It does not appear to exist, so we,  
12 obviously, believe that this is a major failing of their  
13 submission.

14 As to the Mass. Highway Salt Management Plan, on  
15 paper, it follows the recommendation of the EPA, but we are  
16 concerned about practice. We want to make sure that the  
17 Mass. Highway Department is responsible to local concerns  
18 about contamination of drinking water and surface water from  
19 salt on the roadways. Specifically, we've heard from towns,  
20 such as Upton, who have repeatedly expressed concern about  
21 salt contamination, and we've also heard more today.

22 With respect to sand, specifically, the best  
23 management practices indicates that, according to the plan,  
24 that street sweeping will happen once a year. We feel that  
25 this is far too infrequent, especially, in priority areas

1 where they're near impaired waters or drinking water  
2 supplies.

3           The Mass. Highway and the Mass. Turnpike Authority  
4 also failed to identify control measures and best management  
5 practices to control pollutants of concern into waters  
6 impaired by those pollutants, as required by the general  
7 permit.

8           The Mass. Turnpike Authority and the Mass. Highway  
9 lands and roadways discharge into impaired water bodies, and  
10 therefore, it must treat these water bodies as a priority  
11 and indicate how stormwater controls will be implemented to  
12 control pollutants of concerns in these areas.

13           Mass. Highway fails to list any receiving waters,  
14 let alone identify those that are impaired stating that  
15 outfalls will be inventoried by the end of the permit term.

16    This is unacceptable.

17           Mass. Highway should first, immediately, identify  
18 all discharges into impaired waters and then amend its plan  
19 to provide for a specific schedule that commits to taking  
20 specific actions to control these discharges.

21           Given that so many of Mass. Highway's discharges  
22 are into impaired water bodies, Mass. Highway needs to  
23 address this issue without further delay.

24           The Mass. Turnpike Authority's proposed BMPs in  
25 this area are inadequate in that they lack requisite

1 specificity. For instance, as we pointed out in our written  
2 comments, Appendix G for Palmer, Massachusetts, the Quaboag  
3 River is listed as an impaired receiving water body. The  
4 pollutant of concern in this instance is metals, but the  
5 Stormwater Management Plan does not specifically identify  
6 any control measures or BMPs that will address the discharge  
7 of those metals into the impaired waters.

8 We believe that the Mass. Turnpike Authority  
9 should amend its plan to provide for a specific schedule  
10 that commits to addressing these types of pollutants of  
11 concern.

12 In addition to failing to identify specific  
13 control measures for stormwater runoff into an impaired  
14 water body, the Mass. Turnpike Authority shifts  
15 responsibility to a local city or town to implement these  
16 inadequate best management practices.

17 The Mass. Turnpike Authority Stormwater Management  
18 Plan provides no evidence, for example, of the legally  
19 required agreement by any of the cities or towns that the  
20 Turnpike Authority says will implement the BMPs.  
21 Furthermore, the plan does not provide any information that  
22 may be used to assess the adequacies of such BMPs.

23 Finally, neither Mass. Highway or Mass. Turnpike  
24 Authority has adequately addressed TMDL requirements. To my  
25 third and, hopefully, final point here, the Mass. Highway

1 and Mass. Turnpike Authority failure, complete failure, to  
2 incorporate LID techniques throughout.

3           The Mass. Highway and Turnpike Authority have not  
4 adequately incorporated LID in their Stormwater Management  
5 Plan, and we think this is especially important, given the  
6 water crisis in Eastern Mass. currently. We think that it  
7 is not only a good policy and good for the water policy, but  
8 also, it is supposed to be, by the general permit, required  
9 to be the stormwater management tool of choice.

10           In the general permit, it states that permittees  
11 in high or medium stressed basin areas must minimize the  
12 loss of annual recharge to groundwater from new development  
13 and redevelopment and that all permittees must minimize loss  
14 of annual recharge to groundwater to the maximum extent  
15 practicable and to address recharge and infiltration for the  
16 minimum control measures, as well as any reasons for  
17 electing not to implement recharge and infiltration.

18           Specifically, with respect to the Mass. Turnpike  
19 Authority, now that they have taken over the Big Dig and  
20 with the severe problem of deterioration of foundation  
21 pilings in Boston, we think it's very important that they  
22 focus on the recharge issue.

23           In conclusion, we believe that the Mass. Highway's  
24 and the Mass. Turnpike's plans do not comply with the  
25 requirement; therefore, they need to dramatically revise

1 their NOIs in accordance with the comments that CLF has made  
2 today and those that we submitted in December to receive  
3 coverage under the general permit.

4 Thank you for the opportunity to testify.

5 MR. WEBSTER: Thank you very much.

6 Laura Chan, from the New England Interstate Water  
7 Pollution Control Commission, do you wish to speak?

8 MS. CHAN: No.

9 MR. WEBSTER: Kate Bowditch, from Charles River  
10 Watershed Association.

11 MS. BOWDITCH: I hope I don't fall in this hole.

12 MR. WEBSTER: Yes. I noticed.

13 MS. BOWDITCH: Good morning. My name is Kate  
14 Bowditch. I'm a hydrologist with the Charles River  
15 Watershed Association, and I appreciate the fact that EPA is  
16 holding this hearing and giving us an opportunity to provide  
17 comments on the Notices of Intent submitted by Mass. Highway  
18 and the Mass. Turnpike Authority.

19 Charles River Watershed Association submitted  
20 comments with Conservation Law Foundation on December 1st of  
21 last year, and I will not go through the things that we  
22 already said in those written comments in any detail, but I  
23 do want to touch on a couple of things, as well as list some  
24 specific examples in particular locations where our  
25 experience with the Charles River and its watershed revealed

1 some of the issues that I'm going to bring up today.

2 First, and I have some comments that are specific  
3 to Mass. Highway, some that are specific to the Turnpike  
4 Authority and some that are generally applicable to both  
5 agencies. I'll try and make those clear.

6 First of all, just in general, as we all know in  
7 this room, stormwater pollution continues to be a major and  
8 significant problem in the state of Massachusetts.  
9 Stormwater is a major contributor to violations of state  
10 water quality standards in many, many waters and throughout  
11 the state of Massachusetts, and it's clearly something that  
12 federal and state regulations, as well as local and grass  
13 roots movements are focused on and are increasingly  
14 expecting progress to be made, and we all know that that's  
15 going to be an expensive process, but it is one that we need  
16 to move forward with, and this permitting process is one of  
17 the main and significant tools that we all have to help us  
18 move forward with this.

19 There are many, many people across the state and  
20 the country who are working hard on the issue of stormwater  
21 management. There's a lot of innovative technologies,  
22 techniques, management approaches, styles that have been  
23 brought to bear on this, and one of the things that the  
24 Watershed Association feels is really lacking in these  
25 submissions and the information that we've seen to date from

1 the Turnpike Authority and Mass. Highway is a reflection of  
2 many of these new approaches that exist out there.

3           We have submitted, as you know, comments on the  
4 work of many of the municipalities to deal with this, and  
5 some of the municipalities are actually far ahead of Mass.  
6 Highway and the Turnpike Authority in terms of their effort,  
7 their intensity, their innovation, and it seems particularly  
8 inappropriate that our state agencies aren't keeping up with  
9 what some of the municipalities are doing, so overall, I  
10 think there's a lot of progress that needs to be made.

11           Transportation infrastructure has been, clearly,  
12 identified as one of the major contributors to stormwater  
13 runoff and stormwater pollution, and clearly, these agencies  
14 that have responsibility for stormwater management on the  
15 transportation infrastructure in Massachusetts really need  
16 to be focusing intensely on this effort.

17           The couple of things that I will touch upon that  
18 were in our comments in December, but I think are worth  
19 mentioning again at today's hearing. The issue of impaired  
20 waterways and discharges from these roadways into impaired  
21 waterways is one that really needs a lot more significant  
22 attention and one that I know, at least, in the case of  
23 Mass. Highway, the Mass. Highway does have experience with  
24 focusing on specific areas and does have the capacity to do  
25 this, if they choose to do so.

1 I use the example of the Cambridge Reservoir as  
2 one where I think Mass. Highway did focus and work very hard  
3 on trying to understand and manage their stormwater  
4 discharges into the reservoir, but that level of attention  
5 has simply not been put into many, many other impaired water  
6 bodies, and it needs to be.

7 One specific example that's of great importance to  
8 the Charles River Watershed Association and the City of  
9 Boston and the residents of the Metropolitan Boston area is  
10 the Muddy River. Some of you may know that the Muddy River  
11 has had extensive water quality and sedimentation problems  
12 leading not only to impairments, habitat loss, perhaps  
13 public safety problems and major, major flooding issues as  
14 well.

15 There is a significant and ongoing federal, state  
16 and local partnership project that is underway to dredge and  
17 restore the Muddy River. The main source of sediments to  
18 the Muddy River is the storm water system from Boston,  
19 Brookline, the Department of Conservation and Recreation and  
20 Mass. Highway, which has a major road that crosses Route 9,  
21 Route 9 that crosses the Muddy River, as well as the  
22 Turnpike, which crosses the Muddy River.

23 It's clearly an area that a lot of people are  
24 putting a lot of time and money into, and I know, as a  
25 member of the Citizens Oversight Committee, our efforts so

1 far to attract the interest of Mass. Highway and/or the  
2 Turnpike in the restoration and trying to understand what  
3 stormwater management they may have in place that  
4 specifically focused on the Muddy River have not been  
5 particularly productive to date.

6           So I think the issue of focusing on specific  
7 impaired waters and areas that are either outstanding  
8 resources waters or other areas of concern is one that both  
9 agencies really need to put some time and effort into in  
10 order to comply with the permit, but also in order to really  
11 move forward with a successful and effective Stormwater  
12 Management Program.

13           Briefly, the IDDE Program, the Illicit (sic) --  
14 what are the two Ds? Detection and Elimination, Discharge  
15 and Elimination, thank you very much, Program. Basically,  
16 the efforts to find and disconnect sanitary connections to a  
17 storm drain system are very poorly addressed in, both, the  
18 Turnpike Authority and Mass. Highway's programs, and in  
19 spite of the fact that these are transportation  
20 infrastructure drains, and people probably don't think that  
21 they need to focus a lot of attention on sanitary  
22 connections.

23           It's our belief anyway that it's a requirement of  
24 the permit that they do so, and nevertheless, there are  
25 significant areas for, both, Mass. Highway roadways and

1 Turnpike where there's potential for sanitary sewer  
2 connections, and the agencies really ought to be focusing on  
3 ensuring that such connections don't exist and that there  
4 isn't sewage getting into the storm drain system,  
5 particularly, areas where the roads pass through residential  
6 areas where there's potential for inappropriate illicit  
7 connections to storm drains, areas where there are rest  
8 areas and other commercial developments and areas where  
9 there is significant industrial, commercial or residential  
10 sheet flow that flows into the, particularly, Mass.  
11 Highway's drainage system, so I think that's an area that  
12 really needs a lot more attention than it's gotten to date.

13           And then touching, again, on something that almost  
14 everybody who has testified today has brought up, which is  
15 the pollution prevention and good housekeeping piece of the  
16 Stormwater Management Programs for both agencies.

17           Like all other permitted entities, including  
18 municipalities, Mass. Highway and the Turnpike Authority  
19 really need to specify their street sweeping and catch basin  
20 cleaning and inspection programs with much, much more detail  
21 than they have in their submissions to date.

22           What methodology is being used for these  
23 inspection and cleaning programs for catch basin management;  
24 what kind of a protocol or program do the agencies have in  
25 place for replacement and upgrading of these infrastructure

1 elements when they need to be replaced or repaired; is Mass.  
2 Highway and is the Turnpike Authority considering and  
3 funding the use of new catch basin liners and other types of  
4 devices to improve the efficiency of those devices at  
5 removing pollutants, particularly, given that sand is one of  
6 the major issues of concern here?

7           There's a tremendous amount of technology that is  
8 now available to remove sand and to improve the collection  
9 of sand back out of the roadway drainage system that should  
10 be implemented over time by both agencies.

11           The frequency of street sweeping, again, we fully  
12 concur with CLF that an annual street sweeping is totally,  
13 totally inadequate. Many of the municipalities are required  
14 by federal and state laws to sweep their streets much more  
15 frequently. Some of them are sweeping heavily used  
16 commercial areas three times a week. DCR is sweeping some  
17 of its roadways every day. It's totally inadequate for  
18 these two agencies to have an annual street sweeping  
19 program, as their stormwater management street sweeping  
20 protocol, and it's our position that, if that's the best  
21 they can do, it does not meet the requirements of the  
22 general permit.

23           The other issue is the data collection and data  
24 management protocol. We would like to refer Mass. Highway  
25 and the Turnpike Authority to the Department of Conservation

1 and Recreation's newly implemented Data Management Program  
2 for their street sweeping and catch basin cleaning and  
3 infrastructure management. We think that DCR has put  
4 together an excellent program for managing and tracking  
5 their stormwater management, and we feel this will be an  
6 excellent tool for moving forward, and we highly recommend  
7 that the two agencies look at that as a potential model.

8 I would like to reiterate, also, our comments that  
9 both agencies need to provide more information on their  
10 storage facility management and what BMPs are in place,  
11 particularly, at salt sheds and sand storage facilities and,  
12 also, for snow dump management. There's a lot of polluted  
13 runoff that comes out of snow at a lot of these areas, and  
14 there may well be protocols in place for the Turnpike  
15 Authority or Mass. Highway, but there isn't information  
16 provided, so it's impossible for us to assess the  
17 effectiveness of those programs.

18 A couple of specific things I'd like to bring up  
19 before I conclude. This regards, specifically, to the  
20 Turnpike Authority. Some of the most heavily used portions  
21 of the Massachusetts Turnpike, including several large toll  
22 and interchange areas, discharge stormwater into the Charles  
23 River. All of these discharges are in areas where the river  
24 is impaired, and many of the pollutants that the river is  
25 impaired for are found in stormwater runoff, specifically,

1 the type of runoff that comes off transportation  
2 infrastructure and roadways.

3           Much of this discharge is completely untreated, as  
4 far as we can tell. There are pipes from the Turnpike  
5 bridges, for example, that release stormwater that hasn't  
6 gone through a catch basin or that hasn't had any kind of  
7 treatment whatsoever, just a big pipe that's pouring down  
8 into the river off the bridge as it crosses over the Charles  
9 River. Clearly, this is a violation of any kind of  
10 acceptable practice for stormwater management off of a major  
11 roadway.

12           There are areas of the pike where similar kind of  
13 untreated discharge, for example, comes right down off the  
14 portion of the Turnpike that's elevated above the CSX rail  
15 yard. The rail yard does have a stormwater management  
16 established. They have some kind of an infrastructure  
17 established there on the rail yard, but it's not adequate to  
18 meet the demands of, both, an overhead major highway and  
19 their own rail yard, and clearly, it's the responsibility of  
20 the Turnpike to manage their own stormwater and not release  
21 it untreated onto the CSX rail yard.

22           Finally -- I thought I had one more specific Mass.  
23 Turnpike. I guess I don't here. Basically, our overall  
24 position is that, based on the work that we have done, as  
25 many of you know, we've been working on evaluating the

1 Notices of Intent for many municipalities, Department of  
2 Conservation and Recreation, as well as Mass. Highway and  
3 the Turnpike Authority, and certainly, we acknowledge that  
4 there may be actions and activities that the Turnpike  
5 Authority and Mass. Highway are taking that they perhaps  
6 have not reported or expressed in their submissions, and we  
7 would welcome the opportunity to meet with them and review  
8 these and provide comment and so on, but all of our  
9 comments, obviously, and our opinion on the stormwater  
10 management protocols that are in place are based on the  
11 materials that have been submitted.

12           And I think one of the key things that all of us  
13 take away from this experience and this process is realizing  
14 how much more effort needs to be put into not only thinking  
15 about and managing stormwater, but discussing it, laying it  
16 out, showing people what progress is being made and where  
17 stumbling blocks have occurred so that we can all work  
18 together to try to improve the overall Stormwater Management  
19 Programs.

20           Thank you very much for the chance to comment.

21           MR. WEBSTER: Thank you.

22           Jamison Colburn.

23           MR. COLBURN: Good morning. My name is Jamison  
24 Colburn. I'm a Professor at the Western New England College  
25 School of Law, in Springfield. I teach classes on the Clean

1 Water Act and the Clean Air Act, and before getting into  
2 teaching, I was assistant regional counsel for EPA in  
3 Region 3.

4 I'd like to just take a couple of minutes this  
5 morning to set some legal context, which I think is  
6 important to the proceedings this morning, and I wanted to  
7 start off with the December 1999 rule that EPA finalized for  
8 MS4s, which, as EPA knows, was challenged, and that case in  
9 the Ninth Circuit, the Environmental Defense Center versus  
10 EPA, invalidated several portions of the rule and remanded  
11 it to the agency.

12 In particular, what the Ninth Circuit said was  
13 that, in order to receive the protection of a general  
14 permit, like the general permit that the region has issued,  
15 the operator of an MS4 needs to do nothing more than decide  
16 for itself what reduction in discharges would be the maximum  
17 practical reduction, that is, the standard, of course, under  
18 Section 402 of the Clean Water Act, the maximum extent  
19 practicable for any discharger, and this was specifically  
20 the part of the rule that the Ninth Circuit invalidated as  
21 being inconsistent with Congress' intent.

22 What they said, in particular, was that Stormwater  
23 Management Programs that are designed by regulated parties  
24 must, in every instance, be subject to meaningful review by  
25 an appropriate regulating entity, such as the permitting

1 authority here, EPA, to ensure that each such program  
2 reduces the discharge of pollutants to the maximum extent  
3 practicable, and as I said, that aspect of the rule was  
4 remanded to EPA, and that's why we're here today.

5 I've previously submitted a comment letter to EPA,  
6 a letter of December 1st, arguing that this, the Mass.  
7 Highway NOI, in particular, and I'd like here now to  
8 incorporate the comments of the Watershed Council, the  
9 Connecticut River Watershed Council by Andrea Donlon and  
10 also the Charles River Watershed Association, the specific  
11 comments with respect to Mass. Highway's NOI because I feel  
12 that these are not the measurable goals and best management  
13 practices that EPA expects of parties submitting these NOIs.

14 And as I said, in my comment letter of December  
15 1st, I suggest to the EPA that, under its own regulations,  
16 it should take the opportunity to treat the Mass. Highway  
17 NOI as an individually permitted discharge, and EPA's  
18 regulations, the EPA regulation on point is 4 CFR,  
19 Section 122.28(b)(3)(i)(G)(3), and I had to go in search of  
20 that regulation, but I think that it's important to bring it  
21 out today because of the nature of these best management  
22 practices and the nature of the measurable goals that Mass.  
23 Higher and, to a lesser extent, I think, the Mass. Turnpike  
24 Authority and some others have been submitting.

25 EPA has long maintained that this is an iterative

1 process, and it strikes me that, as an iterative process  
2 which, of course, has to start somewhere, this process is  
3 inherently compromised when we start off with the sorts of  
4 measurable goals and the sorts of best management practices  
5 that you see in these submitted NOIs.

6           Even EPA, in the 1999 version of the rule,  
7 maintained that the operator's submission must identify, as  
8 appropriate, the months and years in which the operator will  
9 undertake actions required to implement each of the minimum  
10 control measures, including interim milestones and the  
11 frequency of periodic actions, and I think this is important  
12 to bear in mind when we talk about an iterative process.

13           Secondly, EPA said, again, in its rules in 1999  
14 the submitted BMPs and measurable goals become enforceable  
15 according to the terms of the general permit. The first  
16 permit can allow the permittee up to five years to fully  
17 implement the program, but that was in no way intended to  
18 mean that we could last out the entire first term of a  
19 permit without even identifying discharges.

20           Lastly, what EPA said was that today's rule  
21 requires the operator to submit either measurable goals that  
22 serve as BMP design objectives or goals that quantify the  
23 progress of implementation of the actions or performance of  
24 the permittee's BMPs. At a minimum, the required measurable  
25 goals should describe specific actions taken by the

1 permittee to implement each BMP and the frequency and the  
2 dates for such actions.

3           Now, after he lawsuit challenging this rule, of  
4 course, EPA Headquarters sent out to the permitting  
5 authorities and, in this case, to Region 1 a memorandum of  
6 April 16, 2004, and that was under the signature of James  
7 Hanlon, the Director of Office of Wastewater Management, and  
8 in this memorandum, Mr. Hanlon did articulate the standard  
9 under the Clean Water Act which was the maximum extent  
10 practicable standard that each one of the NOIs was supposed  
11 to achieve, and he reiterated that the public review of the  
12 NOIs was an important, in fact, a critical part of the  
13 process for keeping this an iterative process and that  
14 public review was supposed to play a role in making the NOIs  
15 useful to this end.

16           What he said was, the permitting authority will  
17 need to conduct an appropriate review of all Phase 2 MS4  
18 NOIs to ensure consistency with the general permit. General  
19 permits should, to the extent practicable, specify in  
20 objective terms what is expected of the Phase 2 MS4 in order  
21 to meet the maximum extent practicable standard.

22           Lastly, I just wanted to point out, in the  
23 region's general permit, Part 5 for transportation MS4s,  
24 which includes Mass. Highway, that one of the listed minimum  
25 control measures, this is in the general permit now, is

1 that the program be evaluated on an annual basis to assure  
2 compliance with the maximum extent practicable standard.

3           Again, I'd like to suggest to EPA that annual  
4 reviews by a discharger like Mass. Highway, when the NOI  
5 uses best management practices and articulated measurable  
6 goals, as we see in this Notice of Intent, will,  
7 essentially, be a formality at best.

8           I think that's the sum and substance of my  
9 comments. I'd like to thank EPA for the opportunity to  
10 testify this morning.

11           MR. WEBSTER: Mr. Colburn, there was one reference  
12 that I didn't quite catch. About halfway through, you  
13 talked about EPA, itself, had operator must include interim  
14 measures and milestones in BMP reports. Was that the  
15 preamble of --

16           MR. COLBURN: That was in the preamble of the '99  
17 rule, correct.

18           MR. WEBSTER: Okay. Thank you.

19           MR. COLBURN: And I have citations, if you'd like  
20 them afterwards. Thank you again.

21           MR. WEBSTER: Thank you.

22           Caroline Hampton, do you wish to speak?

23           MS. HAMPTON: No.

24           MR. WEBSTER: Roger Frymire.

25           MR. FRYMIRE: My name is Roger Frymire. I'm a

1 Cambridge resident, not a member of any of these watershed  
2 organizations. I'd like to thank the EPA for holding this  
3 hearing, and I'd especially like to thank Mr. Barbaro and  
4 Mr. McCullough for showing up. It's a vast improvement over  
5 what happened at a similar hearing for the DCRs permit.

6 I'll start by saying something good about each of  
7 the organizations. First of all, the Web site for the Mass.  
8 Highway Department has, both, its NOI and its Stormwater  
9 Management Plan posted. That is much better than the  
10 Turnpike Authority has managed.

11 And for the Turnpike, I will say that a few months  
12 ago, I sent Mr. McCullough some data from water quality  
13 testing I'd done for an outfall at the Allston/Brighton rail  
14 yards which includes runoff from the Mass. Turnpike. It was  
15 a single sample from a storm which I told him showed  
16 anomalously high bacteria from what I'd sampled there in the  
17 past, and I didn't expect a lot of response to a single  
18 sample, but he, at least, made an effort to answer my  
19 question on whether there'd been any changes in the drainage  
20 system between samples I'd taken four to five years earlier  
21 which showed this outfall was clean and the most recent  
22 sample. I'd like to thank him for that.

23 My comments, other than congratulatory, are as  
24 follows. Three months ago, I sent both of these gentlemen  
25 and the EPA my comments in the earlier part of this process

1 on their NOIs and Stormwater Management Programs, and in  
2 that three months, I was actually hoping that a few of the  
3 simpler things that had to do with the public process and  
4 public notification and, specifically, with the information  
5 that's on their Web site might be improved.

6 I asked that, beyond just the NOI and Stormwater  
7 Management Plan, they consider posting their yearly reports,  
8 and I also wanted each of them to post, at the top level of  
9 their stormwater Web page, not their entire agency Web page,  
10 just at their stormwater Web page, at the top level of that,  
11 a contact information for a specific person, a specific Web  
12 address and specific phone number so that, when the public  
13 sees something they think is wrong, it is moderately easy to  
14 find a contact.

15 If you go on to the Highway Department's Web site  
16 and read all 200 to 300 pages of their NOI and Stormwater  
17 Management Plan, you will, eventually, find a page with some  
18 contact information. That is way too deep. And the Mass.  
19 Turnpike Authority has nothing of the sort.

20 My last comment has to do with some information  
21 that was included in the Mass. Highway Department's comments  
22 I sent in earlier which spoke to some specific outfalls  
23 along Route 1, in Revere, which the Mystic River Watershed  
24 Association had, on multiple occasions, tested as being  
25 anomalously high with fecal bacteria. One of them actually

1 has toilet paper visible.

2           And I was hoping that sometime in the last three  
3 months, they would see fit to do some of the analysis and  
4 elimination part of the IDDE, Illegal Discharge Detection  
5 and Elimination. I've already done some of the detection  
6 part. I would hope that they would have been working on the  
7 last one, the elimination.

8           Thank you very much.

9           MR. WEBSTER: Thank you, Mr. Frymire.

10           That's all the cards that I have, so at this time,  
11 I'd ask if there's anybody else that did not get a chance to  
12 speak, if they wish to make a statement for the record  
13 during the hearing?

14           (No response.)

15           MR. WEBSTER: I'd also ask, I'll give an  
16 opportunity if somebody that spoke before and heard  
17 something else they want to react to that would like to  
18 speak again?

19           (No response.)

20           MR. WEBSTER: Seeing nobody raising their hands,  
21 I'd like to thank you for the comments this morning. I  
22 think we've heard a lot of thoughtful comments. I  
23 appreciate the attention that so many people have given to  
24 this, both, from the organizations, as well as from the  
25 commenting agency. I think there are a lot of ideas out

1 there, a lot to think about for a challenging, as well as  
2 very important, process for EPA, as well as for everybody in  
3 this room.

4           Please, be sure that any written comments, that  
5 you've submitted to David Gray. Written comments will be  
6 accepted until the public comment period closes at midnight  
7 tonight, February 17, 2006.

8           I hereby close the public hearing. Thank you.

9           (Whereupon, at 10:25 a.m., February 17, 2006, the  
10 above matter was concluded.)

CERTIFICATE OF REPORTER AND TRANSCRIBER

This is to certify that the attached proceedings  
in the Matter of:

RE: NOTICES OF INTENT SUBMITTED BY OPERATORS SEEKING  
AUTHORIZATION TO DISCHARGE STORMWATER UNDER THE U.S. EPA  
NATIONAL POLLUTANT DISCHARGE ELIMINATION SYSTEM (NPDES)  
SMALL MUNICIPAL SEPARATE STORM SEWER SYSTEM (MS4) GENERAL  
PERMIT

Place: Worcester, Massachusetts

Date: February 17, 2006

were held as herein appears, and that this is the true,  
accurate and complete transcript prepared from the notes  
and/or recordings taken of the above entitled proceeding.

Jody Perkins  
Reporter

February 17, 2006  
Date

Susan Hayes  
Transcriber

February 28, 2006  
Date